

Rulemaking: 12-03-014

Commissioner: Michel Florio

ALJ: David Gamson

Order Instituting Rulemaking to Integrate
and Refine Procurement Policies and
Consider Long-Term Procurement Plans.

Rulemaking 12-03-014 (DMG)
(Filed March 22, 2012)

**SIERRA CLUB CALIFORNIA CORRECTIONS TO BILL POWERS CROSS
EXAMINATION TRANSCRIPT**

BEFORE THE PUBLIC UTILITIES COMMISSION
OF THE STATE OF CALIFORNIA

November 6, 2013

1 which you have -- you refer there to NERC
2 standard TPL-001-01.

3 And looking now at our exhibit here,
4 TPL-001-3, is this a copy of NERC Reliability
5 Standards, the SC exhibit?

6 A Correct.

7 Q I'd like you turn in the
8 cross-examination exhibit to the first page
9 of the table. And look under Category C.
10 And, specifically, look under Category C3.

11 Does this state that a C3
12 contingency would be a Category B contingency
13 with manual system adjustments followed by
14 another Category B contingency?

15 A That is what it says.

16 Q And were you aware that the
17 Category C contingency analyzed by SCE was
18 the loss of the Sunrise Powerlink followed by
19 manual system adjustments and then followed
20 by the loss of the Southwest Powerlink?

21 A Yes. I consider that a Category B ~~C~~
22 functionally ^{and a} Category D probabilistically. ←

23 Q Let's look here at the definition. ←

24 Would the Sunrise Powerlink be a
25 Category B contingency?

26 A Correct.

27 Q And then it would be followed by
28 manual system adjustments.

1 And then would the loss of the
2 Southwest Powerlink also be a Category B
3 contingency?

4 A Administratively, yes, ~~from~~ ^a
5 Category C3. But my point is functionally it
6 would be a Category D, N-1-1.

7 Q All right. Now, I'd like you to
8 turn to the Category D on page A2 of the
9 exhibit. Can you show me here on this what
10 this functional D is? Where on this
11 definition is this functional Category D?

12 A WECC has a process called
13 performance category upgrade request, which
14 SDG&E went through with the Sunrise Powerlink
15 and SWPL to convert it from a Category C to a
16 Category D., But I'm saying they could do the
17 same thing under this circumstance with
18 N-1-1. So the NERC standards allow for that.
19 WECC standards allow for that.

20 Q But do NERC standards allow for
21 that?

22 A Of course.

23 Q All right. I'd like to turn your
24 attention to page two going back to your
25 testimony SC-1. And look at the last page
26 two looking at the last paragraph on that
27 page. In the last sentence of that
28 paragraph, you state, quote, "In contrast,

LADWP

1 ~~LEDWP~~, whose service territory is surrounded
 2 by SCE and whose annual and peak load are
 3 greater than those of SDG&E, adheres to the
 4 NERC N-1 reliability standard and has
 5 maintained grid reliability and performance
 6 as good as or better than those of SCE and
 7 SDG&E," end quote.

8 When you refer here to the NERC N-1
 9 reliability standards, are you referring to
 10 the reliability standards in -- that are
 11 encapsulated in part in our Cross Exhibit
 12 SCE-SC-X-1?

13 A Yes.

14 Q And turning now to your Exhibit
 15 SCE-1 to page eight, I'm looking at the last
 16 question and answer on the page. And there
 17 you state, quote, "After its power flow
 18 modeling -- after running its power flow
 19 modeling assumptions, an N-1-1 event in SDG&E
 20 territory ^{causes} ~~cause~~ of the N-1 presented in SCE
 21 territory, SCE concludes that no procurement
 22 of generation would be necessary to address
 23 the N-1 contingency in its territory."

24 In this sentence, when you talk
 25 about an N-1-1 event in SDG&E service
 26 territory, are you discussing the loss of the
 27 Sunrise Powerlink with manual system
 28 adjustments followed by the loss of the

1 Southwest Powerlink?

2 A Yes.

3 Q And what is the N-1 event in SCE
4 territory?

5 A The N-1 at SCE is a -- I'd have to
6 ~~look~~ look at SCE's territory map that is in their
7 SCE's opening testimony. They have a map
8 that shows the event that is occurring in SCE
9 territory on a segment of 230 kV line as a
10 cascading response to that N-1-1 happening in
11 SDG&E territory.

12 Q We can provide you -- we can
13 provide you with a copy of our testimony, if
14 that would be helpful for you to identify the
15 line.

16 A It would be helpful.

17 MS. SCHMID-FRAZEE: Thank you.

18 ALJ GAMSON: We'll go off the record
19 for a moment.

20 (Off the record)

21 ALJ GAMSON: Back on the record.

22 MS. SCHMID-FRAZEE: Q So, Mr. Powers,
23 I have provided you with a copy of Exhibit
24 SCE-1. And I have the map for you.

25 On page 25, is that the map that
26 you're referring to?

27 A Correct.

28 Q And could you identify on that map

1 what the N-1 event is in SCE service
2 territory?

3 A It's identified as a -- it's
4 numbered two on this map. And ^{the} explanation is ~~that~~ ←
5 rerouted power flows through SCE and ~~an~~ overload ←
6 transmission line and produce excessive
7 voltage deviation. ^{An arrow} And ERO points to a ←
8 stretch of the Serrano 230 kV line.

9 Q Mr. Powers, is an overload a
10 contingency?

11 A Right.

12 Q And I was asking you about this
13 Category C3 NERC contingency. And you were
14 telling me about this WECC process to exempt
15 a Category C3 NERC contingency as a
16 Category D contingency.

17 Could you describe that process for
18 me?

19 A I wouldn't call it an exemption.
20 It's a probabilistic analysis. It's called a
21 double-line outage probabilistic analysis.
22 And six to seven different high voltage
23 transmission lines had been converted from
24 Category C to Category D over last decade by
25 applying standard WECC methodology to
26 downgrade a transmission line. And that is
27 what happened with the Sunrise Powerlink ~~to~~ and ←
28 the Southwest Powerlink. In 2007, SDG&E

1 argues that the addition of preferred
2 resources should not be considered as a
3 serious alternative, and you are asked
4 whether you agree with that position.

5 I guess my question is: Where ~~is~~ in ←
6 IEP's testimony did you find the suggestion
7 that preferred resources are not considered a
8 serious alternative? Maybe I should start by
9 asking whether you have a copy of that
10 testimony before you?

11 A I do not.

12 ALJ GAMSON: We will go off the record.

13 (Off the record.)

14 ALJ GAMSON: Let's go back on the
15 record.

16 Why don't we identify the IEP
17 exhibits at this point.

18 MR. CRAGG: All right. Your Honor, the
19 first exhibit which should be marked as IEP-1
20 is entitled Testimony of William A. Monsen on
21 behalf of the Independent Energy Producers
22 Association concerning Track 4 of the
23 long-term procurement plan proceeding (with
24 errata).

25 I should explain that we have
26 circulated errata to the testimony that was
27 originally served on September 30th. This
28 version was circulated yesterday to the

1 noncritical load for a matter of hours, it
2 may cause no economic hardship.

3 Q Well, if you're shedding -- if
4 you're blacking out 500 megawatts, are you
5 going to affect some critical load?

6 A Unknown. You're talking to
7 somebody from San Diego ^{who} was completely
8 blacked out by an uncontrolled load shed. So
9 I understand the difference between shedding
10 500 megawatts to keep us from going
11 completely dark.

12 Q And the question is, if you're
13 shedding 500 megawatts, aren't you going to
14 be affecting some critical loads?

15 A We'd have to define critical load.
16 Are we talking about critical care facilities
17 and hospitals? Are we talking about comfort
18 for employees in businesses? It's a
19 different -- we'd have to define critical
20 load before we presume that shedding load is
21 going to cause hardship.

22 Q Well, in your response to one of my
23 questions earlier you said that load shedding
24 wouldn't necessarily affect -- it could be
25 done without incurring additional costs to
26 customers if noncritical loads were shed. So
27 what did you mean by noncritical loads?

28 A I meant by those facilities except

1 manufacturing industries?

2 A It depends, but I would expect on a
3 planned controlled load shed those that would
4 be affected by that 500 megawatt load shed
5 have been fully informed. They know that
6 they are potentially going to be -- power
7 could be cut under certain circumstances and
8 that they have made some arrangements for
9 that, that it should not be a shock to them
10 that under an extreme demand condition they
11 have been informed that their load could be
12 cut and it is cut.

13 Q Were you here for the testimony by
14 the ISO witnesses that they have some
15 existing system, I think specific protection
16 system that ~~include~~^{includes} a possibility of load
17 shedding in 500 megawatt lots?

18 A In San Di -- for this particular
19 situation?

20 Q Yes.

21 A Yes.

22 Q And is it your understanding that
23 that shedding of 500 megawatts is -- that the
24 customers who would be curtailed have been
25 fully informed of that possibility?

26 A It is my position that the N-1-1
27 analyzed by the ISO is a Category D. It is
28 an extreme event. And they do not have an

1 Commission the Commission would need that
2 information. Are we getting -- are we
3 getting additional reliability from all of
4 the money that we're spending to meet G-1,
5 N-1, and especially with this proposed N-1-1
6 is that we are in great need of an economic
7 evaluation of what we would receive in return
8 for all of this investment.

9 Q Is load shedding an appropriate
10 response to contingencies under the G-1, N-1
11 criteria?

12 A Under ^{the} ISO standard it is not,
13 though under NERC rules it would be
14 considered a Category C. It would be a C3.

15 Q And is it your recommendation that
16 that should be among the mitigation measures
17 that are appropriate for -- under the current
18 planning criteria?

19 A I do think we need an economic
20 evaluation of that.

21 MR. CRAGG: Thank you, Mr. Powers.
22 Those are all my questions. Thank you, your
23 Honor.

24 ALJ GAMSON: Okay. Thank you very
25 much. Is there any redirect for the witness?

26 MR. ROSTOV: Yes, there is.

27 ///

28 ///

REDIRECT EXAMINATION

1
2 BY MR. ROSTOV:

3 Q First, turning to page 11 of your
4 opening testimony, SCE asked you a question
5 about Figure 3.

6 A Yes.

7 Q And were you using Figure 3 in
8 contrast to Figure 2?

9 A Yes.

10 Q Can you explain what the purpose of
11 Figure 2 and Figure 3 were?

12 A Yes. And Figure 2 is a graphic of
13 the current ISO planning standard limiting
14 contingency G-1, N-1 in San Diego Gas and
15 Electric's Service territory. And what it
16 explicitly is is the loss of our biggest
17 combined cycle ~~plant~~ plan, the Otay Mesa facility,
18 and the loss of the Southwest Powerlink,
19 which here is identified by the segment
20 called ECO to Miguel.

21 However, it leaves a 500 kV link
22 from Imperial Valley Substation to San Diego
23 open so that generation currently connected
24 to the Imperial Valley Substation is
25 available as local capacity in San Diego.

26 By using this, and looking at
27 Figure 3, by the ISO, by a process that is
28 opaque, I have not seen any vetting of this